

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC MEETING
Between U. S. Nuclear Regulatory Commission O350 Panel
and FirstEnergy Nuclear Operating Company

- - -

Meeting held on Tuesday, May 6, 2003, at
2:00 p.m. at the Camp Perry Clubhouse, Oak Harbor, Ohio,
taken by me, Marie B. Fresch, Registered Merit Reporter,
and Notary Public in and for the State of Ohio.

- - -

PANEL MEMBERS PRESENT:

U. S. NUCLEAR REGULATORY COMMISSION

- John "Jack" Grobe, Chairman, MC 0350 Panel
- William Ruland,
Vice Chairman, MC 0350 Panel
- Christopher Scott Thomas,
Senior Resident Inspector
U.S. NRC Office - Davis-Besse
- Jon Hopkins, Project Manager Davis-Besse
- Dave Passehl, Project Engineer Davis-Besse
- John Zwolinski, Director of the Division
of Licensing Project Management
- Brian Sheron, Associate Director for
Project Licensee and Technical Analysis

FIRST ENERGY NUCLEAR OPERATING COMPANY

- Lew Myers, FENOC Chief Operating Officer
- J. Randel Fast, Director of
Organizational Effectiveness
- Michael J. Stevens,
Director - Nuclear Maintenance
- Mike Ross, Restart Director
- Mark Bezilla, Vice President Davis-Besse
- Fred von Ahn, Vice President of Oversight
- Bob Coward, Director of Nuclear Services,
MPR Associates
- George Beam, Senior VP - Framatone

- - -

1 MR. PASSEHL: Welcome everybody,
2 FirstEnergy, and members of the public for accommodating
3 this meeting today. This is a public meeting between the
4 NRC's Davis-Besse Oversight Panel and FirstEnergy Nuclear
5 Operating Company.

6 I'm Dave Passehl, the Project Engineer and Assistant
7 to the Branch Chief, Christine Lipa, who is responsible for
8 NRC's Inspection Program at Davis-Besse. Christine cannot
9 attend today's meeting due to other commitments.

10 Next slide, please.

11 The purpose of this meeting are to allow FirstEnergy
12 to present the status of activities in their Restart Plan
13 and to discuss NRC's Oversight Panel activities, focusing
14 on these activities since our last public meeting.

15 Next slide, please.

16 The agenda for today's meeting includes the
17 introductions, opening remarks, a summary of the April 15,
18 public meetings, a discussion of significant NRC activities
19 since that last public meeting, the Licensee's presentation
20 on the status of their Return to Service Plan, and a short
21 break, followed by public comments and questions of the
22 NRC, and then we'll adjourn the meeting.

23 Before we go further, I would like to make some
24 introductions. Immediately to my left is Jack Grobe, a
25 Senior Manager in the Region III Office in Lisle, Illinois;

1 and Jack is the Chairman of the Davis-Besse Oversight
2 Panel.

3 To Jack's left is Brian Sheron, a Senior Manager in
4 Headquarters, who is the Associate Director for Project
5 Licensee and Technical Analysis. Brian provides overall
6 project management related to licensing activities
7 associated with power reactors and he provides management
8 direction of technical evaluations and assessment of
9 technical issues.

10 Next to him, to his left is John Zwolinski, a Senior
11 Manager in our Headquarters Offices, who is the Director of
12 the Division of Licensing Project Management. John's group
13 implements the policy, programs and activities, including
14 coordinating licensing and technical reviews, associated
15 with the overall safety and environmental project
16 management for individual power reactors in the regions.

17 Next to John is Bill Ruland, a Senior Manager in our
18 Headquarters Office. And, Bill is the Vice Chairman of the
19 Oversight Panel. Bill's position is the Director, Project
20 Directorate 3, in the Division of Licensing and Project
21 Management.

22 Next to Bill is Jon Hopkins, our NRR Project Manager
23 for Davis-Besse.

24 To my right is Scott Thomas, the Senior Resident
25 Inspector at the Davis-Besse Plant.

1 And in the audience, we have Doug Simpkins, the
2 Resident Inspector at the Davis-Besse Plant.

3 We have Nancy Keller, who is the Office Assistant
4 for Davis-Besse.

5 Our Region III Public Affairs Officer, Viktoria
6 Mitlyng.

7 Margie ~~Gonzales~~ Kotzales is a Technical Assistant to Mr.
8 Sheron. She is with us in the audience. As is Ho Nieh, a
9 Regional Coordinator in our Headquarters Offices, and he
10 works in the Executive Director's Office in Headquarters.

11 Lew, would you please introduce the FirstEnergy
12 personnel?

13 MR. MYERS: Thank you. In the
14 audience today we have two guests with us. Bob Saunders,
15 the President of FENOC is here for FirstEnergy Nuclear
16 Operating Company. I see you, Bob, right there. Okay.
17 And Gary Leidich, the Executive VP of Engineering Services
18 is also with us.

19 To my left is Fred Von Ahn. I'm going to give you
20 some new names and titles today, and as we go through the
21 presentation today, it will be clear what's changed and
22 why. Okay? Fred von Ahn is with us today. Fred is to our
23 far left. Fred is the new Vice President of Oversight for
24 FirstEnergy Nuclear Operating Company.

25 Mark Bezilla is next to him. Sitting next to me on

1 the left. Mark is going to be the new Site Vice President
2 at the Davis-Besse Nuclear Plant. We'll talk about Mark
3 later on in the presentations.

4 To my right here is George Beam. George is a Senior
5 Vice President with Framatone.

6 And then Bob Coward is next to him. He's the
7 Director of Nuclear Services with MPR, which is an
8 Engineering Contracting Company that we use.

9 Mike Ross is next to him, I believe. And Mike is
10 the, new title we termed the Restart Director. And Mike is
11 filling that role.

12 Randy Fast is next to Mike. Randy's got a new title
13 also; that's the Director of Organizational Effectiveness
14 at our plant. And Randy is really going to focus on all
15 the, the Management/Human Performance issues.

16 Then, Mike Stevens, the Director of Maintenance, is
17 sitting at the end of the table.

18 MR. PASSEHL: Thank you, Lew.

19 Would any public officials or representative of
20 public officials in the audience please introduce
21 yourselves at this time?

22 MR. ARNDT: Steve Arndt,
23 Ottawa County Commissioner.

24 MR. WITT: Jere Witt, Ottawa
25 County Administrator.

1 MR. GROBE: Okay, before we
2 proceed, I just wanted to take a minute to recognize a
3 member of the Davis-Besse NRC team, who is going to be
4 moving on.

5 Now you have to stand up Doug.

6 This is Doug Simpkins. I want everybody to
7 recognize him for a moment. He's been a key member of the
8 NRC team here at Davis-Besse for the past four years and
9 has been a significant contributor to that team, based on
10 his knowledge and experience, but also based on his
11 diligence to ensuring the safety of the public from nuclear
12 power operations.

13 Doug has been promoted to the Senior Resident
14 Inspector position at a plant called Hatch. It's in
15 Georgia. And those of us that are dyed-in-the-wool
16 midwesterners can't quite figure out why he wants to go to
17 Georgia. But, he is going to be taking on significantly
18 additional responsibilities leading the NRC team down in,
19 at the Hatch plant, Georgia.

20 In addition to Doug's commitment to his profession,
21 he's also played a very significant role in the community
22 here in Oak Harbor. His wife, Lisa, two boys and three
23 girls, have been very active in the community. Doug has
24 been an active father. He's been a Cub Master in Oak
25 Harbor. He's coached the National Rifle Youth Camp here at

1 Camp Perry. He's organized the Youth Rifle Program in Oak
2 Harbor. He's been a soccer coach and assistant baseball
3 coach.

4 He's taught Sunday School. He's been very active in
5 his church and he's even sung occasionally at Sunday
6 school, which I didn't get any feedback whether that was a
7 positive or a negative, but he's only been an occasional
8 singer, so that might tell you a little bit about that.

9 We're going to miss him on the NRC team here at
10 Davis-Besse. And, I want to recognize his commitment here
11 and wish him the best as their family moves to Georgia in
12 just a couple days. May 23rd, they're going to be pulling
13 up stakes and moving south. So, thanks, Doug.
14 (applause)

15 MR. PASSEHL: Okay. This
16 meeting is open to public observation. Please note that
17 this is a meeting between the Nuclear Regulatory Commission
18 and FirstEnergy. At the conclusion of the business portion
19 of the meeting, but before the meeting is adjourned, the
20 NRC staff will be available to receive comments from
21 members of the public and answer questions.

22 There are copies of the May edition of our monthly
23 newsletters and copies of the slides for this meeting in
24 the foyer. The newsletter provides background information
25 and also discusses current plant and NRC activities. On

1 the back page, there is some reference information on how
2 to contact us, if you have additional questions or
3 concerns.

4 We have included the email address and phone number
5 of our public affairs officers. And there is also a web
6 page address, where you can have access to numerous
7 documents related to Davis-Besse.

8 We also have a public meeting feedback form
9 available, which we use to solicit comments on aspects of
10 the meeting that we can improve upon.

11 We're having the meeting transcribed today by Marie
12 Fresch to maintain a record of the meeting. The
13 transcription will be available on our web page. And
14 usually, that's available in about 3 to 4 weeks.

15 It is important that speakers use the microphones to
16 ensure that the transcriber and the audience can hear
17 everyone.

18 Next slide, please.

19 Since our last meeting on April 15th, we discussed
20 the status of ongoing plant and NRC activities. The NRC
21 staff discussed initiation of a Safety Culture and Safety
22 Conscious Work Environment inspection, the completion of
23 the Containment Sump Inspection, and Integrated Leak Rate
24 Test Inspection in Containment.

25 We mentioned that we were prepared to close Restart

1 Checklist Item 1-A, pertaining to reactor pressure vessel
2 penetration cracking and reactor pressure vessel corrosion;
3 and Items 6-A through F, pertaining to licensing issues
4 associated with reactor vessel head.

5 We provided a status update on our ongoing
6 inspections of System Health Reviews and Design Issues,
7 Safety Significant Programs and Corrective Actions.

8 We discussed some upcoming activities, including the
9 Undervessel Head Inspection, Fire Protection Inspection, a
10 Restart Assessment Team Inspection and public meetings to
11 discuss engineering issues and safety culture.

12 Later in today's presentation, we plan to provide an
13 update on our recently completed and ongoing NRC
14 activities.

15 FirstEnergy provided an update on efforts made
16 toward restart. They discussed activities related to
17 Operations Restart Readiness Assessments, including
18 preparations to take the plant to Mode 4, which means the
19 primary coolant temperature circulating throughout the
20 reactor is between 200 and 280 degrees.

21 FirstEnergy discussed plans to resolve some
22 engineering issues, including issues with emergency diesel
23 generator loading, high pressure injection pumps, the
24 electrical distribution system, and air-operated valves.

25 I want to mention that we are conducting another

1 public meeting tomorrow to discuss engineering issues.
2 Information on that meeting can be found in our monthly
3 newsletter.

4 Next slide, please.

5 April 15th, we held a public exit meeting to discuss
6 the preliminary findings and conclusions of the special
7 inspection and supplemental inspection that was conducted
8 to review the utility's corrective actions for two white
9 findings in the radiation protection area associated with
10 inadequate radiologic controls during steam generator work
11 in February of 2002.

12 On April 25th, we completed a one-week fire
13 protection inspection which reviewed the Licensee's fire
14 protection features and safe shutdown capability. The
15 inspection results will be included in the Inspection
16 Report for System Health Assurance Inspection, which is
17 currently ongoing.

18 We closed Restart Checklist Item 1-A, which was, as
19 I mentioned, the penetration cracking and reactor pressure
20 vessel corrosion. The Davis-Besse Oversight Panel approved
21 this checklist item for closure on April 29. FirstEnergy
22 submitted its Technical Root Cause Report to the NRC staff
23 in August of 2002.

24 NRC's review of the report is complete, and the
25 results of the review will be included as an attachment to

1 the next Resident Inspection Report, which should be issued
2 in the near term.

3 We also closed Restart Checklist Item 6-A through
4 6-F, which is licensing issues associated with replacement
5 reactor vessel head. The Davis-Besse Oversight Panel
6 approved this checklist item for closure on April 29th.
7 The NRC staff reviewed and approved all six proposed
8 licensing actions and the results of the licensing action
9 review will be included in the next Resident Inspection
10 Report.

11 Next slide, please.

12 First I wanted to discuss some continuing NRC
13 activities, which involve our System Health Reviews and
14 Design Issues Inspection. The NRC's inspection of this
15 area is reviewing system health readiness. Part of this
16 inspection includes safety function validation inspection
17 of systems and topical issues, high energy line break,
18 environmental qualification, seismic flooding and
19 Appendix R. The inspection is being conducted by several
20 inspectors and is ongoing.

21 We are also evaluating the Licensee's process in and
22 tools for monitoring improvements in the Safety Culture,
23 Safety Conscious Work Environment and the effectiveness of
24 the Employee Concerns Program. The inspection is in
25 progress this week. On April 7, the NRC issued a press

1 release and biographical information on the team members
2 for that inspection.

3 The NRC's inspection regarding program effectiveness
4 is reviewing certain key programs. Our reviews in this
5 area include assessing the effectiveness of the Boric Acid
6 Corrosion Control Program, In-service Inspection Program;
7 Reactor Coolant Unidentified Leakage Program, Plant
8 Modifications, Quality Audits and Operating Experience
9 Programs.

10 To-date, we have completed our on site inspection of
11 all programs, except for Boric Acid Corrosion Control,
12 Quality Audits, and reviews of completeness and accuracy of
13 required records and submittals.

14 Our Corrective Action Team Inspection is an
15 inspection to review the effectiveness of the corrective
16 action process at Davis-Besse to ensure that it is being
17 effectively implemented and appropriate corrective actions
18 taken to prevent recurrence of problems.

19 The inspection includes review of restart corrective
20 action items to determine if items required to be
21 accomplished prior to startup of the plant have been
22 correctly characterized and actions have been completed in
23 accordance with the Licensee's and NRC's requirements.

24 Our Resident Inspection is ongoing. We have two
25 Resident Inspectors stationed permanently at the site, who

1 inspect a broad spectrum of activities, as is
2 characteristic of all our sites, in the areas of
3 Operations, Maintenance and Testing. And the Resident
4 Inspectors issue reports every six to seven weeks.

5 MR. GROBE: Dave, before you
6 go on, I just wanted to talk a little bit about the safety
7 culture work that's being done by the company and also our
8 inspection.

9 There's been a lot of confusion, at least I've
10 sensed a lot of confusion on a number of fronts regarding
11 whether or not the Licensee is required to improve their
12 safety culture.

13 The NRC has requirements in 10-CFR-50, specifically
14 focused on the need to fix problems. It's part of our
15 quality assurance requirements, that's referred to as
16 Criterion 16.

17 What it requires is that whenever the Licensee
18 identifies a problem, a deficiency with safety equipment or
19 safety processes, that it needs to be fixed, and it's
20 required to be fixed. In the case of significant problems,
21 we call them significant conditions adverse to quality;
22 not only does the problem need to be fixed, but the root
23 cause needs to be identified and the root cause needs to be
24 fixed.

25 The NRC doesn't mandate how to fix the problems, but

1 it requires that they are fixed and that there is a
2 reasonable course of action to address those problems to
3 ensure they won't recur. Certainly the degradation of the
4 reactor pressure vessel head at Davis-Besse was a
5 significant issue adverse to quality. Consequently, the
6 utility is required to fix that problem. Not only the
7 specific hardware deficiencies, but also what caused the
8 problem.

9 FirstEnergy determined that safety culture at the
10 facility was a significant contributor to why that problem
11 occurred. So, they're required under NRC regulations to
12 address that issue. Again, we don't mandate how to fix the
13 safety culture at Davis-Besse, but we do mandate that it be
14 fixed.

15 The inspection, regardless of whether it's a piece
16 of equipment that has a deficiency or program or procedure
17 or process, or in this case a safety culture, there is many
18 different ways to address hardware problems to address what
19 I call software problems, programs and procedures, and to
20 address people problems. We don't mandate how to fix it,
21 but what we do is come in and inspect and make sure there
22 is a reasonable path to success, that the specific actions
23 the company is taking have a reasonable success path to
24 ensure that these problems don't recur.

25 To ensure that we did an excellent job assessing

1 this area, as Dave mentioned, we brought in a team of
2 experts. There is seven folks, who have a proven track
3 record in the area of Safety Culture Assessment, Safety
4 Conscious Work Environment Assessment; and two gentlemen
5 who also have a proven track record in the industry of
6 effectively managing safety culture at nuclear power
7 plants.

8 That team's work is ongoing. We will have a public
9 exit once they complete their work, but our goal in that
10 effort is to examine, not to impose any requirements in the
11 area of safety culture, we have no requirements, but to
12 examine what the utilities is doing and make sure that it
13 makes sense. That's what we'll be reporting out to you
14 publicly and to the utility in several weeks.

15 Thanks, Dave.

16 MR. PASSEHL: Okay. Next
17 slide, please.

18 Okay, the NRC will conduct a public meeting with
19 FirstEnergy tomorrow, as I mentioned, in the Region III
20 Office, where FirstEnergy will describe the status of its
21 engineering reviews and address significant outstanding
22 design issues and its plans for resolving them.

23 This is the second public meeting focusing on the
24 status of design reviews of Davis-Besse safety systems.
25 The first meeting was held in the NRC's Region III Office

1 in Lisle, Illinois on December 23rd of last year.
2 Transcripts and presentation materials for that meeting are
3 available, and for the meeting tomorrow, are available on
4 the NRC's website.

5 The NRC is preparing to conduct an inspection of the
6 lower reactor vessel head area. This inspection will
7 review the procedures and related ASME Code requirements
8 relative to the leak test of the reactor coolant system.
9 The NRC will also observe conduct of the test and verify
10 proper implementation of procedures.

11 As Jack alluded to, the NRC is planning to conduct
12 a public meeting to discuss the Licensee's assessment of
13 safety culture, once the Licensee has fully integrated
14 their independent and internal assessments. That meeting
15 will be held in the Region III Office in the May to June
16 timeframe.

17 The NRC is preparing to conduct an assessment of
18 backlog issues. The work Davis-Besse plans to defer until
19 after the plant has resumed operations, or the work
20 Davis-Besse plans to defer to future outages. This review
21 will consider the appropriateness and safety of those
22 proposed deferrals.

23 Next slide, please.

24 The NRC is preparing to conduct a Restart Assessment
25 Team Inspection when the utility nears the point where it

1 will seek NRC authorization for restart. This inspection
2 will review the readiness of the plant and the plant staff
3 to resume plant operations safely and in compliance with
4 NRC requirements. The inspection findings will be
5 considered by the NRC Oversight Panel in making its
6 recommendation to the Regional Administrator on possible
7 restart.

8 The NRC is preparing its final Significance
9 Assessment for the control rod drive mechanism cracking and
10 reactor pressure vessel degradation identified for
11 Davis-Besse. The NRC issued its preliminary assessment
12 letter back on February 25th of this year in which we
13 preliminarily determined that the performance deficiency
14 resulting in that reactor pressure vessel head
15 degradation and control rod drive mechanism nozzle cracking
16 had high safety significance.

17 The final letter will be issued after NRC considers
18 FirstEnergy's reply to our preliminary letter. And we
19 received that reply on April 24th.

20 This summarizes NRC's activities since our last
21 meeting. The inspections I discussed are part of our
22 Restart Checklist, which is a listing of issues that need
23 to be resolved prior to restart of the plant.

24 So, with that, I'll turn the presentation meeting
25 over to FirstEnergy. Thanks.

1 MR. MYERS: Thank you.

2 When Doug gets to Hatch and he starts looking up
3 all that environmental data, you know, history, you know; I
4 think you'll find it had a lot of good rigor and was very
5 thoroughly done.

6 MR. GROBE: You don't happen
7 to know anybody that might have worked down there, do you?

8 MR. MYERS: Yes.

9 (laughter)

10 Okay. We have several Desired Outcomes today. We
11 have, it's not been quite a month since we had our last
12 public meeting, so let me talk a little bit where we're at
13 now.

14 Since the last public meeting, we've completed our
15 high head safety injection test. We pressurized the plant
16 to 50 pounds pressure. And, at the present time, we're
17 looking at going to 250 pounds and we're doing our near
18 normal operating temperature pressure test later on. We're
19 not at that point yet.

20 Today, we have several Desired Outcomes. You heard
21 the new titles that we are using and there has been some
22 management changes. We want to discuss those management
23 changes and the reason for the management changes.

24 We also want to review the plant activities
25 completed since the last meeting, and as it brings you up

1 to our present status; and then, there's some near term
2 activities for plant testing that we want to discuss; and
3 then, finally, we want to provide you an update of several
4 of our issues and their resolutions.

5 If you look at our agenda, the next slide, specific
6 areas we're talking about, once again, is Management
7 Actions.

8 The Restart Test Plan. Mike Stevens will discuss
9 that.

10 Challenges to Restart. You know, we talked a lot in
11 here about our high end head safety injection pump issues, and
12 the actions that were taken there. So, we have two people
13 that are going to discuss those today; Mike Ross, George
14 Beam and Bob Coward all focus in that area.

15 Operations Readiness. Mark Bezilla is sitting
16 beside me here. He's been at the plant two days, but he's
17 going to discuss Operational Readiness. You'll find Mark
18 has been really working at the plant quite a bit since
19 we've been in this issue.

20 The Quality Oversight Area. Fred Von Ahn will
21 discuss. Fred is our new Vice President of Oversight.

22 Safety Conscious Work Environment. We had a couple
23 of questions that we wanted to discuss from the last
24 meeting, Jack. And, we're prepared to discuss those
25 today. I'll do that.

1 Then, the Containment Closure. You know, that's
2 really closure of the Building Block. And, as Randy will
3 tell you, you never close the containment out. You know,
4 what we have put in place is some new procedures and stuff
5 that we think will keep the, not only fix the containment
6 to standards we have today, but maintain those standards in
7 the future.

8 The first area that I would like to discuss -- go
9 ahead with the next slide -- is Management Actions. You
10 know, Jack spoke awhile ago about the safety culture at our
11 station. You know, we define safety culture as attitudes
12 and attributes in the organization and people that ensure
13 that safety-related activities receive the management
14 attention warranted.

15 If you look back, when you talk about that today, I
16 have my slides; if you look back at our actual root cause,
17 we said, "There was a focus on production, established by
18 management". So, it's a management issue of the plant.
19 "Combined with taking minimum actions to meet regulatory
20 requirements". Let's justify this and take the minimal
21 action. "That resulted in acceptance of degraded
22 conditions" as long as they didn't affect productivity.
23 That was our original root cause.

24 If you'll look at some of the actions we've taken,
25 we talked about before, you know, Bob Saunders created a

1 new position of Chief Operating Officer, which is my job,
2 once we get the plant restarted.

3 Then, Gary Leidich is our Executive Vice President
4 of Engineering and Service, which is Services, which is
5 also a new position that helps standardize our programs and
6 our approaches to the system health and stuff like that.
7 So, a key part of ensuring that this type of issue doesn't
8 happen again.

9 And then, finally, you know, if you look at our
10 Oversight Organization. Our Oversight Organization, what
11 we found, mostly reported to the site. So, we wanted to
12 make that a FENOC organization; and we created the Vice
13 President of Oversight. And, Bill Pearce had been in that
14 position, and now Fred von Ahn is there.

15 If you go look at the organizational changes that
16 we've made, first I would like to spend a couple moments to
17 tell about some of the new players.

18 Fred, as the VP of Nuclear Oversight, has been with
19 us for many years now. Worked with Fred at our Perry
20 Plant. Fred has over 25 years of nuclear experience; both
21 from the Navy and then commercial operations.

22 He graduated from the Naval Academy, so Fred was a
23 naval officer in 1978 with a Bachelor of Science Degree,
24 and while we were working together at Beaver Valley, went
25 back and got his Master's Degree in Business.

1 Fred, after leaving the Navy, worked for General
2 Electric for a period of time as staff engineer. He had a
3 Senior Reactor Operator License in a plant in Switzerland
4 for about two and a half years.

5 Fred worked at our Perry Plant since 1998, and he
6 was a lead engineer there. And, when I left the Perry
7 Plant, he was in the engineering department, was in charge
8 of one of the departments of engineering management. He
9 had escalated through several positions there in
10 engineering, from project management to other management
11 positions.

12 He went to our Beaver Valley Plant as the Director
13 of Engineering, where he's been responsible for the System
14 Health Programs and Latent Issues Programs for the last
15 three and a half years, and some of the improvements we've
16 made at that plant.

17 We have been talking for some time about announcing
18 a Vice President for the Davis-Besse Plant. And, in order
19 to do that, we wanted to put Bill Pearce back with his
20 broad base experience on Westinghouse reactors, he's now
21 back to being the Vice President down at the Beaver Valley
22 Plant.

23 That allowed us to take the next person, Mark
24 Bezilla, who is sitting to my left, and move him to, that
25 would be the Site VP at our Davis-Besse Plant. Mark comes

1 to us with a, what we think is an outstanding background
2 also. He has 26 years of experience in the nuclear
3 program, including a position at Three Mile Island.

4 Mark was hired by Mike Ross and trained by Mike, so
5 we're expecting outstanding things there.

6 After that, he came to Davis-Besse and was the
7 Superintendent of Operations, moved up to the
8 Superintendent of Operations position. He was moved over
9 to Perry Plant to improve performance there for several
10 years, and was the Operations Manager.

11 He then left us and went over to Salem, where he
12 held numerous positions, from basically Plant Manager
13 position to the Vice President of Operations, Vice
14 President of Engineering.

15 And then, we brought him back about a year ago to
16 work at our Beaver Valley Plant to take my place as Site
17 VP, and he made good improvements there after I left.

18 So, he did so well, we decided to bring him over
19 here and let him do the same thing here. So, he's coming
20 here to be the Vice President, Site Vice President of this
21 plant.

22 If you go look at Mark. Mark, once again, had an
23 SRO in this plant. He has an Engineering degree and
24 Associate degree in Nuclear Engineering Technology. We
25 think that he knows the plant well. He's had good broad

1 based experience and will do us an outstanding job here as
2 the Site Vice President.

3 So, that's some of the shuffles at the top. That's
4 the reason we made those shuffles.

5 If you go look at the next slide, at our Davis-Besse
6 station, we've worked pretty hard as a Senior Management
7 Team over the last few weekends to figure out how to
8 utilize the talents that we have here. You know, I'm
9 basically located at the station full time, so between Mark
10 and myself, we probably shouldn't be doing the same job.

11 So, since I'm located at the station, I'm going to stay
12 here until after startup. And, we tried to figure out ways
13 to utilize our talents the best.

14 We wanted to take Bob Schrauder, Director of
15 Support. Bob has been really working on projects since
16 we've been here as a team. We wanted to get him really
17 involved in Security, Regulatory Affairs, Corrective
18 Actions and Quality Services.

19 Regulatory Affairs is an area we're very concerned
20 with and needs Bob's talents. That's what we brought him
21 out here to do, so he's really focusing on those things
22 now.

23 Jim Powers filled the Director of Engineering, and
24 there was no real changes there.

25 We took Mike Ross, and Mike will continue to focus

1 on Mark in his new position -- so, nothing has changed in
2 the last 25 years -- as the Director of Restart. And what
3 Mike is doing is, we're trying to do, we finished our
4 discovery, if you will, walking all our systems down. We
5 pretty well have our backlog done in the right direction.

6 But, but there is, as you get to the end, and, Jack,
7 you know this, you start getting all those issues, the easy
8 stuff is gone. So, we need to be focusing forward and
9 making sure that we have good ownership, we have good
10 fragments in place, good schedules in place, the parts, the
11 tools, equipment, and the people to get some of the work
12 activities after the, up to the Mode 4 test; and then after
13 that test, for those, the windows that we have, all the
14 work we have after that.

15 So, Mike has got the leadership role in that area
16 now. We've set up a place out in the Administration
17 Building, where we're really focused now making sure all
18 the mods are ready to go, all the issues are ready to go,
19 and driving those things on a daily basis.

20 Randy Fast has moved over to be the Davis-Besse
21 Organizational Development Director. Randy has worked hard
22 in Operations in improving the areas there. And we've been
23 getting very good feedback about some of the improvements
24 we've made in Operations and ownership and all.

25 We need to really focus on the management issues

1 that we have ahead of us. And, Randy is here to focus on
2 the SAP Project, which is a management issue; the new
3 computer project moving into our plant, that the plant is
4 going to.

5 Emergency Preparedness, Randy will be focused on
6 that next week.

7 The Davis-Besse Human Resources Area, to make sure
8 we're putting key people in the right positions.

9 Communications at our site, trying to improve that.

10 Safety training, our Training Department will report
11 to Randy. Human Performance person will report to Randy.

12 And, finally, the Restart Building Block will continue to
13 report to Randy also.

14 Then, Mark Bezilla. Mark is going to sort of take
15 over the position of Site Vice President and Plant Manager
16 role combined. What he's going to do is focus on the stuff
17 inside the fence. So, Mike Stevens, the Maintenance
18 Director, Outage Management, and Work Control, will report
19 to him, Chemistry, Operations, and Radiation Protection.

20 And what we feel right now, is that lays out and
21 uses our talents to the best way we know how to use them.

22 This has been a team effort to figure out, here's all the
23 things we need to get done, and here's the way to approach
24 it. So, those are the changes that we have in place at our
25 plant.

1 The next area is Mike Stevens and Mike will provide
2 you some information on Restart.

3 MR. STEVENS: Thank you, Lew.

4 I'm pleased today to talk about our Restart Test.
5 The purpose of our plan is to improve the work performed
6 thus far that's been effective to support safe operation of
7 Davis-Besse.

8 Initially, we've taken lessons learned from the
9 industry and validated our plan to ensure that the startup
10 and safe operation of Davis-Besse goes smoothly through
11 this restart testing.

12 Next slide, please.

13 Our test plan will test our primary system
14 readiness. We will be performing detailed inspections at
15 50 pounds, 250 pounds, and 2,155 pressure. The detailed
16 inspections will include all of the flange and bolted
17 joints and Reactor Coolant System primary that's normally
18 pressurized. Additionally, we'll validate the requirements
19 of our new Reactor Coolant System Leakage Monitoring
20 Program, which we had previously discussed.

21 MR. THOMAS: Mike, I looked
22 through the packet here, and I didn't see where you
23 discussed this in more detail. Would this be an
24 appropriate time to talk about the ongoing 50 pound test
25 and what challenges you may have prior to performing the

1 250 pound test?

2 MR. STEVENS: Yes, I could
3 answer that, Scott. We're currently at the 50 pound per
4 square inch pressure test, performing the inspections. The
5 inspections are not identifying any problems. To go to the
6 250 pound pressure test, we'll have to get the air-operated
7 valves on the air duct system completed. And, we're
8 working through the design and part requirements to get
9 those, get what we need to repair those valves. That's
10 primarily makeup 3 and 38, I believe, which will allow us
11 to have letdown.

12 MR. THOMAS: Thanks. Also
13 could you talk to, just basically describe the interaction
14 between the 50 pound, 250 pound, and the 2100 pound test,
15 as far as what you're looking at for each, the specific
16 things you're looking at?

17 MR. STEVENS: Well, primarily,
18 at the 50 pound and 250 pound tests, we're looking for
19 leakage and validating our leakage monitoring program. We
20 also will be operating a lot of equipment on our primary
21 system to achieve the 2,155 pound pressure.

22 Now, as we progress through that, that's when we'll
23 be making sure we're ready to make the mode change to Mode
24 4 and Mode 3. Is that what you're asking, Scott?

25 MR. THOMAS: That will do it.

1 Thanks.

2 MR. STEVENS: Okay. We'll be
3 operating our reactor coolant pump test, all four of our
4 reactor coolant pumps. Additionally, after we hold that
5 pressure at 2,155 pounds for 7 days, we'll go in and
6 perform baseline inspection on our reactor heads using our
7 inspection program, both the new reactor head that was
8 installed, as well as the bottom head region of the reactor
9 vessel. Also, we plan to test our control rod drive system
10 by performing our insertion time testing.

11 Next slide, please.

12 MR. HOPKINS: Wait a minute.
13 Let me ask a question here. In the beginning, you talked
14 about taking lessons learned from others to validate your
15 program. Where and what you just discussed do you take
16 lessons learned from that?

17 MR. STEVENS: What we learned
18 from some of the other units that were down for a prolonged
19 time, that when we, when they went to start up without
20 having a system integrated test to ensure that all the
21 components were ready to operate, they found they had
22 multiple equipment problem and were not prepared.

23 So, some of the things we're doing is taking those
24 lessons learned, tie in with this startup plan as we bring
25 systems on; what most likely could be a problem, preparing

1 for it.

2 For example, one of the scenarios is a small leak,
3 maybe out of a packing of a valve or whatever. And I know
4 our Operations Department has been performing different
5 scenarios on our simulator. I was observing that last
6 week, to ensure that we're ready. If they anticipate any
7 equipment problems.

8 And, those are some of the lessons learned we're
9 pulling out; not only the sequence of the components, but
10 also the training and the contingency training we need to
11 have should components not operate as expected, because
12 they've been in lay-up or at extensive maintenance.

13 MR. MYERS: Let me help you
14 out some too.

15 We took a document, and the document we got from the
16 industry is lessons learned from extended shutdown. It
17 talks about, you know, testing all of your equipment;
18 coming up and finding problems. We haven't ran the plant
19 for a year. Valves want to stick, we may not have worked
20 on them. We worked on like I think five thousand
21 components or so.

22 After we work on something, we do what we call post
23 maintenance testing. We have all that post maintenance
24 testing to do. So, as we get on up to 21, we do the
25 pressure testing on the way up, and make sure we don't have

1 any leaks and everything at the two pressures. Then we get
2 up and do what we call integrated testing. We're going to
3 test our steam pumps, condensating pumps, feed pumps,
4 anything we can test during that NOP test, and try to make
5 sure that equipment is ready to operate.

6 Additionally, we'll take all these post maintenance
7 tests and post modification testing and try to get that
8 done too. So, then when we come back down and we do the
9 undervessel inspection, and we do the diesel drain out that
10 we have, and come back up. It should give us high
11 confidence the equipment will work and perform not only as
12 designed, but in a reliable manner.

13 MR. HOPKINS: That helps me most
14 of all. I have a specific question.

15 Last month, when we talked about the NOP test, we
16 had a slide item on the slide about control rod drive
17 testing, and I asked what was that, and you were going to
18 get back to me. Could you tell me now?

19 MR. MYERS: Do you want to do
20 that, Mike? Or Randy?

21 MR. FAST: John, we went back
22 and looked at our test, and as part of normal test
23 sequence, we latched the control rods and verified their
24 operation. That's a normal sequence for the plant. And,
25 we've had further discussion about that, but we're not

1 deviating from our normal startup process.

2 As a matter of fact, one of the things we noted is
3 while we're in the 7-day test, we'll be borated to maximum
4 concentration, but we'll actually have shutdown banks that
5 provide triple reactivity. It's actually a safety margin
6 added to the plant. And that's in accordance with our
7 normal startup operation. It's not a reactor startup, but
8 it does verify rods, and that is one of the lessons learned
9 as well from the industry.

10 So, we'll verify that the control rod drive
11 mechanisms will latch and are movable and the shutdown rods
12 will be in a condition where they can be tripped to add
13 reactivity while the plant is in the 7-day demonstration.

14 MR. HOPKINS: Okay. Thank
15 you.

16 MR. THOMAS: Randy, on the
17 same, just to pursue that a little further. The first test
18 is done in Mode 5, correct, it's normally in Mode 5, where
19 the individual latch and pull and reinsertion. That's
20 normally done in Mode 5, so that's not an issue for the NOP
21 test.

22 The triple, you know, cocking safety group one, I
23 agree is part of our normal startup process, but the bullet
24 here is control rod system insertion time testing. Where
25 is that going to fit into the picture?

1 MR. FAST: I was going to
2 say, normally that's performed at normal operating
3 temperature and pressure and that is a technical
4 specification requirement that has a very specific time
5 that has to be met in order to ensure compliance.

6 MR. THOMAS: Let me be more
7 specific. Will that be done during the NOP test, the first
8 NOP Test during that time period?

9 MR. FAST: I believe it is,
10 as part of the full temperature and pressure operation.

11 MR. MYERS: I think it is.
12 Yes.

13 MR. THOMAS: Okay.

14 MR. STEVENS: Thank you, Randy.

15 Initially, on our Primary System Readiness, we'll
16 perform the Technical Specifications Surveillance Test,
17 including the Integrated Safety Features Actuation System
18 Test.

19 Additionally, we'll perform flow testing on the
20 various systems. Here, we'll be using the special flow
21 instruments to validate the proper flow is going to the
22 components and that we have established operating plant
23 conditions.

24 On the secondary side, the secondary system
25 readiness places a majority of the secondary plant

1 components in service as required from startup and we'll be
2 going from layup preservation to operational readiness.

3 Some of the systems we'll be having in service are
4 the main steam system, the main condenser with the vacuum
5 drawn, condensate, circulating water, feedwater,
6 comprehensive auxiliary feedwater testing, as well as
7 feedwater heating, portions of the feedwater heating system
8 will be in service.

9 Any additional questions?

10 With that, I would like to turn it over to Mike
11 Ross, who is going to talk about the challenges to Restart
12 Test Plan, and our plant readiness for restart.

13 MR. ROSS: Thank you, Mike.
14 Effective Monday, May 5th, as part of our refocusing of our
15 efforts, I became Davis-Besse Restart Director. A new
16 center has been established to address restart issues. The
17 focus of that center will be on issues and modification for
18 Mode 4 and those efforts that will be required after Mode
19 4. The Center will be located in DBAB, Rooms 209 and 210.

20 The Center is different and separate from the Outage
21 Control Center under Outage Manager Greg Dunn. Greg will
22 continue to have responsibility for the planning and
23 execution of outage.

24 Next slide.

25 There are approximately 1,172 Mode 4 restraints at

1 this time. A breakdown of our progress for these items is
2 listed on the screen. The major work remains in the area
3 of CR closure, work order closure, and component testing.

4 Next slide.

5 MR. GROBE: Mike, before you
6 go on, I want to make sure I understand the difference
7 between outage management and this new function.

8 If I understand correctly, what your focussing on is
9 not field work, coordination of field work and management
10 of field work, you're more focusing on what goes beyond
11 that; is that correct?

12 MR. ROSS: Yeah, think of it
13 as issues management. We want to focus on appropriately
14 addressing the issues and make sure when we do address
15 them, it's the complete effort.

16 MR. GROBE: Okay. Once an
17 issue is ready for field work, then it would be managed by
18 the Outage Management Group?

19 MR. ROSS: That's absolutely
20 correct.

21 MR. GROBE: Thank you.

22 MR. ROSS: Next slide.

23 Looking to Mode 3, there are 509 restraints and we again
24 show our work there.

25 We have maintained a list of issues affecting Mode

1 4. Our completion efforts have reduced this list to what's
2 on the next two slides. I would think it's, what I would
3 call a manageable list at this time. I'll discuss briefly
4 each issue and kind of where we are on these issues.
5 HPI bearing or the high pressure injection bearing
6 issues due to the postulated sump debris. A licensing
7 amendment is being prepared for submittal that was designed
8 to allow one time use of the existing HPI pumps and proceed
9 to pressurize and heat up the reactor coolant system using
10 the reactor coolant pumps as a heat source and complete the
11 7-day NOP and NOT Test.

12 Additionally, two options are being worked that will
13 either install new HPI pumps that we already own or they
14 will modify the existing pumps to fully meet all
15 requirements. Later presentations will discuss these
16 options in detail.

17 Safety Features Actuation System Relay Replacement
18 is coming toward resolution, and probably have us put the
19 original relays back in after obtaining spares from other
20 utilities and other nuclear users. In completing a
21 detailed quality check of each of the system relays,
22 approximately 250, 60 relays involved in that effort.

23 The Electrical Transient Analysis Program issues
24 are receiving additional focus. It appears to be one of
25 our major issues for Mode 4. Our project team continues to

1 work to improve delivery of this issue.

2 Next -- you have the next slide up, thanks.

3 The Low Pressure Injection Pump Cyclone Separator
4 Clogging Issue appears to be on track and will not require
5 work for Mode 4, but will receive an evaluation for our mod
6 installation prior to restart.

7 4160 Undervoltage Relay Field Work started on the
8 first bus, which is being done this week.

9 The Air Operated Valve Program Issues are receiving
10 additional focus, and are presently holding out the reactor
11 coolant 250 pound test, due to the need for seal injection
12 and letdown valves that are involved in this issue.

13 MR. THOMAS: Mike, what's the
14 present scope of that? How many valves are you down to,
15 approximately?

16 MR. ROSS: There is twelve
17 valves that need work. There is seven requires, seven of
18 those require spring adjustments or adjustments of some
19 kind, and I think we're going to end up with 12 valves
20 requiring ECR's. That's kind of the scope of the work and
21 that's after having looked at a total of 83 valves in our
22 program.

23 MR. THOMAS: That's what
24 remains still to do?

25 MR. ROSS: Yes. That's

1 correct.

2 MR. THOMAS: Okay, thank you.

3 MR. ROSS: Back on the Air

4 Operated Valve Program Issues; we are putting additional
5 focus on that. And, that in itself is what's holding a 250
6 pound test. We could go to 250 pound and do that testing,
7 including pumping reactor coolant pumps without entering
8 Mode 4 because that testing is done less than 200 degrees.

9 The Makeup Pump Over-current Relay Setpoint Issue
10 appears to have been resolved, and we're waiting closure
11 and documentation of that issue at this time.

12 The Emergency Diesel Generator Room Temperature
13 Issues, while not a Mode 4 concern, or a concern due to the
14 approach of warm weather; that continues to be a challenge
15 to us and there is a lot of effort going on in that area.

16 The major issues for Mode 4, as we see it now, are
17 the High Pressure Injection Pump, the ETAP Issue, and the
18 Air-operated Valve Program Issues. All are receiving
19 additional focus and resources, and we do believe we have
20 workover resolutions for all of those issues.

21 Next slide.

22 Looking ahead to Mode 1 and 2; there is 396 mode
23 restraints for Mode 2. And 39 mode restraints to complete
24 for Mode 1. As you can see, the majority of that work lies
25 on our Mode 4 and 3 preparation.

1 In closing, the high pressure injection pump, the
2 ETAP and the air-operated valve issues are definitely
3 solvable and receiving additional focus. Additionally, we
4 have not identified any items that we would classify as
5 unsolvable or not doable through total restart.

6 I'm open to questions.

7 No questions, I would like to turn back to Mr. Myers
8 for discussion on the high pressure injection pump issues
9 and options. Thank you.

10 MR. MYERS: Thank you.

11 We've talked in here several times about the issue
12 of the high pressure safety injection pump that we've
13 hypothesized. Basically, that issue has to do with
14 potential debris. We're talking about debris so fine that
15 it would pass through the sump strainer that we install;
16 and over time, over a long period of time, would erode the
17 internal clearances, specifically in the hydrostatic
18 bearings, which are internal to this pump on each end of
19 the pump shaft. And then -- I'm sorry. Hydrostatic
20 bearing in the center, and then also debris on the bearings
21 at the end.

22 We've looked at a couple of options today. The
23 first option was to replace the pump. As we stated
24 earlier, we went out and we bought two pumps that we found
25 in the industry that were from plants that were not, not

1 ever completed. We have those two pumps. We own those two
2 pumps as we speak. And, the second approach was to modify
3 the existing pumps.

4 You know, we know our equipment that we have now.
5 It's worked well. The pump that we have now is high
6 reliability. If there is a modification that we can make
7 to that pump to ensure that it would operate under a
8 certain limited number of conditions, limited number of
9 conditions we're talking about, is whenever the pump would
10 be called upon to take water from the low head safety
11 injection pumps, because it does not pump out of the
12 containment sump.

13 We can go into what's called a piggyback mode, where
14 we take low head safety injection pump water and pump that
15 through the suction of the high head pressure pumps, and
16 then we inject in long term core coolant at a high
17 pressure, if we need to.

18 So, there is certain events, a certain limited
19 number of events where we'd want to use that mode of
20 operation. So, ensuring the reliability of those
21 postulated -- of this pump during those postulated events
22 is important.

23 If you go look at today, we've got George Beam here.
24 George is the Senior Vice President with Framatone, next to
25 me. What we did is, we went into a contractual agreement

1 for a sole source delivery of that pump, similar to what we
2 did with the reactor vessel head, if we decide to replace
3 the pump.

4 So, we have the new pumps. So, George is going to
5 give you the status of that project as we speak now, which
6 is ongoing.

7 Additionally, we also pursued the modification
8 option. Bob Coward is with us today. Bob is the Director
9 of Nuclear Services with NPR, which is a nuclear
10 engineering company that we use very often. They've been
11 focused on the modification approach, and that project is
12 also ongoing. We're going to describe what that
13 modification would look like today, and if we do decide to
14 go that approach.

15 What's important, is that we've got to focus on what
16 are the advantages and disadvantages of each approach.
17 Every day we have different issues pop up, from anything
18 from increases in temperature to the new pumps in our
19 safety-related rooms, and would ~~not~~ room coolers take that, or
20 changes in loading on our diesels. So, we've got to find
21 the right technical issue, the right technical approach for
22 the plant.

23 So, we're very confident these two approaches are
24 both doable; and we've got to, in the next few weeks,
25 decide exactly which one we're going to do, because after

1 we do the NOP test, we have to get started on one of them.

2 Okay?

3 So, with that, I'll turn it over to George.

4 MR. BEAM: Thank you, Lew.

5 As Lew Myers said, I represent Framatone, the
6 Nuclear Services Business. And I think you're aware,
7 Framatone bought the former nuclear assets of the Babcock &
8 ~~Wilcox~~ Wilcox Company, which I've been a part of for 20 years.

9 Babcock and Wilcox designed the original HPI system
10 as part of the primary system that was delivered to
11 Davis-Besse, and provided those pumps and motors under a
12 subcontract. So, we have a lot of engineering analysis
13 already in support of the existing systems. So, when this
14 came up as a potential self-managed task where Framatone
15 would come in and work with the FENOC assets, it was easy
16 to work our engineering capability in with the FENOC
17 engineering capability, because of all the past design
18 information that we had.

19 The challenge is to, is pretty straightforward, in
20 that we basically will take pumps and put them back into
21 the same place. The challenge is that these pumps are a
22 different design, the motors are a different design,
23 hookups are different, so it's a little bit more of a
24 logistical challenge or technical challenge than just a
25 straightforward replacement.

1 We're currently performing the following scopes for
2 the replacement; the complete engineering design and
3 analysis, including a safety analysis. As Lew mentioned,
4 procurement of replacement pumps and motors. The pumps
5 right now are at a facility in Charlotte, North Carolina.
6 The motors are in Texas, and they're going, undergoing
7 teardown, where we're looking at what is required to do the
8 modifications and upgrades.

9 We also have done photogrammetry on the penetration
10 room to look at what modifications we're going to have to
11 do, procurement of required piping and components and
12 fixtures to go in there. Photogrammetry, you know, is the
13 precision measurement capability used a lot in steam
14 generator replacement to do precision fitups for narrow
15 groove welding. So, basically, we're down to ~~mills~~ mils in
16 trying to measure the interferences that are required to
17 put these pumps in here.

18 We will remove the existing pumps and motors, which
19 is not an easy task by any means. It's very tight quarters
20 in this room. Removal of interferences. The installation
21 of the replacement pumps and motors, which are slightly
22 bigger than what the existing pumps and motors are. The
23 final acceptance test and procedure. And then, participate
24 in final acceptance testing once the pumps are
25 operational.

1 Next slide.

2 The current status is, the project is being
3 self-managed task. We're working now with FENOC to define
4 self-managed from a standpoint of QA Program in Lynchburg,
5 Virginia, and QA at the site to do the work. We have
6 procured the two pumps and motors. As I said, they're in
7 the OEM shops for upgrades and checkout.

8 It's a four-party transaction right now, between
9 Westinghouse, Flow Serve, Framatone and FENOC in designing
10 the final configuration. The pumps are a little bit
11 larger, not much larger, but just a little bit larger, and
12 the motors have a greater horsepower. So, we're having to
13 work that into the whole analysis scheme to figure out
14 exactly how we're going to run them between the diesel and
15 heat loads.

16 The last bullet is just simply to say, these, the
17 safety analysis, design and construction work is all,
18 getting the pumps and motors is the easy part. Trying to
19 figure out how to get them in this room and get them tied
20 in together, and doing all of that work, is probably going
21 to be the most challenging thing for this whole project.

22 That's currently what we're working on in parallel
23 with the other options being worked on.

24 Any questions?

25 MR. THOMAS: Is it too early to

1 tell, you're going to have to derate the pump in some
2 fashion. Have you decided on a method to do that; and as
3 well, a motor may or may not have to be derated from a
4 horsepower standpoint. Has that decision been made yet?

5 MR. BEAM: As a matter of
6 fact, that phone call was happening this afternoon at 4:00
7 to figure out the final configuration of both the motor and
8 pump, between the electrical output and the heat load that
9 goes on in that room, but we have not made a final decision
10 on exactly what the final horsepower will be for the motor,
11 or the pump output.

12 MR. THOMAS: Okay, thanks.

13 MR. BEAM: But it will be
14 done this afternoon.

15 MR. GROBE: George, this is
16 not really a question for you, but what you've described is
17 a fairly complex engineering challenge, as well as a
18 complex number of interfaces between different
19 organizations.

20 Lew, it gives me an opportunity to ask a related
21 question, thanks.

22 MR. MYERS: You're welcome.

23 MR. GROBE: Last December,
24 individuals in your engineering organization surveyed a
25 number of folks regarding the at-risk change process. And,

1 the question at that point was whether or not the extensive
2 use of at-risk changes created a perception of production
3 over safety. And there was a significant concern at that
4 time that utilization of that process at the extent that
5 was being done during this outage presented a challenge to
6 the concept of production over safety and quality.

7 And more recently, during our inspection of the sump
8 modification, we identified a number of issues regarding
9 the quality of calculations, and those calculations were
10 done by the subcontracted engineering firm, ~~Intercon~~ Enercon; and
11 accepted through the ~~Intercon~~ Enercon review and approval process,
12 and accepted through your review and approval process, and
13 those problems weren't picked up.

14 I'm not sure if the at-risk change process
15 contributed to that, but I would like to hear a little bit
16 about the utilization of at-risk change at Davis-Besse and
17 what you've learned from the experience with the sump
18 modification and calculations, and where you stand on these
19 issues?

20 MR. MYERS: You know, an
21 at-risk change for us, you know, doesn't mean that the
22 engineering is not done. What it means is, some of the, I
23 would say the last part of the validation. So, there is a
24 risk, financial risk of doing the at-risk change approach,
25 you know. It is a more expedient process, but it doesn't

1 have all the rigor that a normal change process would
2 have. And before you go to closure and use that, that
3 component, you finalize that with normal mod process.

4 So, the checks and balances are in there to ensure
5 that you don't put something in place that's not had the,
6 the complete modification done, but it does put you some
7 financial risk up front.

8 We've used that pretty extensively on the, many of
9 the mods that we've installed to-date. What we're doing
10 with this one, the approach is to do the test, the restart
11 test that we talked about, NOP Test first. What that
12 allows us to do, is take these pumps and the motors and
13 make the necessary modifications and not use the at-risk
14 change, because we would install the pumps and motors after
15 the NOP Test.

16 So, on this particular change I wouldn't anticipate
17 that we would be utilizing the at-risk change process.

18 MR. GROBE: Okay. Do you
19 have any, maybe Fred, you can pipe in from the quality
20 perspective, if you're aware of assessments that quality
21 has done in this area. Do you have a sense of the level of
22 challenge the at-risk change process presents to your
23 organization?

24 MR. VON AHN: The at-risk change
25 process, Jack, as you know is a generally accepted process

1 throughout the industry, and there are certain steps we
2 take throughout that process that the product is not
3 delivered and turned over and operationally accepted until
4 all the I's or-- T's are crossed and the I's are dotted.

5 So, I'm not aware, I don't know, John, do we have
6 any specific information on that?

7 MR. REDDINGTON: No, we have not
8 done any correlation between any errors that we found in
9 engineering and draw a correlation with the at-risk change
10 process. We did bring that issue up ourselves from a
11 quality standpoint early on, and, what we found is that
12 they have the Engineering Assessment Board. There is
13 checks and balances before even an at-risk change gets
14 issued to the field. So, it does go through a certain
15 level of rigor prior to the field guys giving it for
16 implementation.

17 MR. MYERS: You asked the
18 question last time about the calculation issue that we had
19 on containment sump. I went back and looked. Now, my
20 understanding, we had added up all the margins, we still
21 had plenty of margin, but there was an issue there, I'm
22 trying to remember what you call, the diffuser, that we had
23 not taken in account for it in the calculation, but there
24 was an issue.

25 I don't think that had anything to do with the

1 at-risk change. It really had more to do with the rigor
2 that the vendor used in their validation process and how
3 they, two things; how the vendor, when they developed the
4 mod, where they got the, some of the information from. The
5 sources of information, we found some other numbers that
6 were not as on conservative active as we would like, and
7 one of the accumulators.

8 So, we found several problems as we went through
9 that validation process with the vendor and some of the
10 numbers not being as rigorous what we would like.

11 Additionally, what they have is, that we pay them to
12 do, was the validation process. They hand that off to
13 another engineer, that other engineer validates that
14 calculation as a thorough and adequate calculation. You
15 know, that vendor controls, in this particular mod, I
16 think, it's an issue more than the at-risk change process.
17 Because it was, when we were reviewing, what you were
18 reviewing as organization was a final product.

19 MR. GROBE: What have you
20 done to strengthen your owners acceptance on vendor work
21 products since the sump issues came forward?

22 MR. MYERS: You know, we
23 tried to strengthen our reviews in-house. We've also tried
24 to strengthen our engineering oversight review board
25 reviews, some additional criteria there, where we've gone

1 back and tried to look at the mod calculation. We had
2 owners acceptance. Owners acceptance is not a
3 comprehensive review of the calculation. We're
4 strengthening that also.

5 If you want to discuss that in great detail, I need
6 to get Jim Powers involved.

7 MR. GROBE: Right, I didn't
8 see him in the audience here with you.

9 MR. MYERS: No, he'll be with
10 you tomorrow. Ask him that question.

11 MR. GROBE: Yeah. You had a
12 number of complex engineering issues that you're beginning
13 to bring to closure and a lot of engineering work is being
14 done by subcontracted organizations. I think it would be
15 useful to hear a little more about this subject at our next
16 meeting.

17 MR. MYERS: We can add that to
18 the agenda next time. Be glad to.

19

20 MR. COWARD: Hi, I'm Bob
21 Coward. I'm with MPR Associates. MPR, I guess we're an
22 engineering company formed about four years ago by Harry
23 Mandil, Bob Panoff and Ted Rockwell. They were the three
24 chiefs that built independence working for Admiral Rickover
25 in the design and construction of the Nautilus and then